

VERBATIM PROCEEDINGS

CONNECTICUT ENERGY ADVISORY BOARD

PUBLIC HEARING

ON

ELECTRIC DISTRIBUTION COMPANIES'
INTEGRATED RESOURCE PLAN FOR CONNECTICUT

MARCH 26, 2009

300 CAPITOL AVENUE
HARTFORD, CONNECTICUT

POST REPORTING SERVICE
HAMDEN, CT (800) 262-4102

ELECTRIC DISTRIBUTION COMPANIES' INTEGRATED RESOURCE PLAN
MARCH 26, 2009

1 . . .Verbatim proceedings of the
2 Connecticut Energy Advisory Board Public Hearing on
3 Electric Distribution Companies' Integrated Resource Plan
4 for Connecticut, held March 26, 2009 at 1:00 p.m. at 300
5 Capitol Avenue, Hartford, Connecticut. . .

6
7
8

9 CHAIRMAN MICHAEL CASSELLA: Welcome to the
10 duly noticed public hearing of the 2009 Integrated
11 Resource Plan by the Connecticut Energy Advisory Board.
12 We're not here to talk about CEAB bonuses. We are pro
13 bono, in more ways than one.

14 Just to get started this afternoon, I'd
15 like to introduce the members of the Board that are here,
16 and I'll ask you to introduce yourselves, starting with
17 Melissa on my right.

18 MS. MELISSA BUCKLEY: Hi. Melissa Buckley.

19 MS. MELISSA OZOLS: Melissa Ozols.

20 MR. JEFFREY GAUDIOSI: Jeff Gaudiosi.

21 CHAIRMAN CASSELLA: Michael Cassella.

22 MS. MARY HEALEY: Mary Healey.

23 MS. TRACY BABBIDGE: Tracy Babbidge.

24 CHAIRMAN CASSELLA: There may be more Board

ELECTRIC DISTRIBUTION COMPANIES' INTEGRATED RESOURCE PLAN
MARCH 26, 2009

1 members showing up as we go through the afternoon. As we
2 caucused yesterday with the subcommittee on the IRP, the
3 Consumer Counsel closed by saying, well, are you going to
4 start with a wrap?

5 I guess it's my job to introduce to you why
6 we're here this afternoon and what we're going to try to
7 accomplish. Essentially, what we'd like to communicate is
8 basically several things. First of all, where we've been,
9 where we are, and where we're going.

10 Where we've been, the first plan was the
11 2008 IRP that was submitted by the Electric Distribution
12 Companies in January of last year, and that plan led to a
13 revised plan that was submitted by the CEAB in August of
14 last year, and there are a couple of good things that came
15 out of that, not the least of which is how we're going to
16 all work together.

17 There was some challenge in the beginning
18 on how each group was going to work with each other, and
19 one of the main benefits of having gone through the 2008
20 plan was that we sort of hammered that out.

21 It was also a stakeholder process, so we
22 heard from a lot of different people, and I think the end
23 result was positive, to the extent that the Board
24 concluded that, you know, our real goal here is to come up

ELECTRIC DISTRIBUTION COMPANIES' INTEGRATED RESOURCE PLAN
MARCH 26, 2009

1 with a plan that does many things, that's strategic in
2 nature, but really addresses three major issues, cost,
3 reliability and the environment.

4 So what we've come to be about is putting
5 together a strategic plan for the State that optimizes
6 around those three major variables and that takes into
7 account not just the short-term capacity situation and the
8 other short-term items that we're used to dealing with,
9 but the long-term issues that some of us on this Board
10 have been dealing with for many years.

11 So what we're trying to do is to come out
12 of this process with a plan that benefits the ratepayers
13 and taxpayers of the State of Connecticut not just in the
14 short-term, but in the long-term.

15 The 2009 plan, which we're here to talk
16 about today, really has to be looked at in context of
17 where we've been, where we are, where we're going, and I
18 think the 2009 plan was an effort to basically say, okay,
19 what is the situation in the electric market right now?

20 And in order to come up with the answers,
21 we came up with 10 topics, which I'm sure you're aware of,
22 and, basically, the EDCs issued white papers on those 10
23 topics to give the Board a sense of what the situation is
24 in each of those 10 areas.

ELECTRIC DISTRIBUTION COMPANIES' INTEGRATED RESOURCE PLAN
MARCH 26, 2009

1 Another good benefit of the 2009 process
2 was that we worked closely together, both as a Board and
3 with the utilities, to come up with a document in January,
4 on January 1st, that had no surprises for us, and that was
5 part of our mission for this 2009 process, was let's work
6 together on the document that comes out, so we can
7 minimize the amount of work that we, as a Board, have to
8 do before we submit that document to the DPUC.

9 And my sense is that what we got and what
10 we're going to submit is probably 85 percent of the way
11 there, so there are some things that we would like to see
12 enhanced in the 2009 document, and we'll make those
13 enhancements before we send the document over to the DPUC.

14 So, to some extent, the 2009 plan is not
15 really a plan, and it's not going to come as a surprise to
16 the DPUC that it is not the plan, that our intent is to
17 have the 2010 plan become the plan, so there won't be any
18 surprises at the DPUC.

19 I mentioned that the 2010 plan is going to
20 be strategic in nature, and, again, it will be a
21 stakeholder process, so as soon as we get our bearings
22 after this public hearing and after our regular CEAB
23 meeting next week and have some internal discussions, we
24 need to start thinking about the 2010 plan and start

ELECTRIC DISTRIBUTION COMPANIES' INTEGRATED RESOURCE PLAN
MARCH 26, 2009

1 working on that on a going forward basis, so that is
2 essentially where we've been, where we are, and where
3 we're going.

4 Just some process issues for this
5 afternoon. We'd like to ask you to limit your comments to
6 three minutes in duration. Please state your name for the
7 recorder, so she can get that down, and, also, don't
8 forget to turn your mike on, and we'll leave it to the
9 Board to ask questions, if they have any, after your
10 presentations.

11 So any questions at this point? If not,
12 then the first person to speak today will be Dave Jackson
13 from the Connecticut Sierra Club.

14 MR. DAVID JACKSON: My name is David
15 Jackson. I am speaking on the 2009 Integrated Resource
16 Plan. I am here as Energy Chair representing the
17 Connecticut Sierra Club, with a membership of 95 hundred
18 members, and am a resident, also, of West Hartford.

19 Members of the Connecticut Energy Advisory
20 Board, thank you for the opportunity to address this
21 important issue. The Sierra Club strongly supports the
22 requirement in Public Act 07-242 to implement all cost-
23 effective energy efficiency measures, and we ask you to
24 include specific annual funding levels for energy

ELECTRIC DISTRIBUTION COMPANIES' INTEGRATED RESOURCE PLAN
MARCH 26, 2009

1 efficiency in the Integrated Resource Plan.

2 The executive summary on page ES-2 states
3 Connecticut has a very limited in-state renewable resource
4 potential, other than fuel cells. New transmission could
5 enable the development and integration of out-of-state
6 resources.

7 Clean water actions already mention that
8 direct solar, thermal and solar electricity are viable in-
9 state renewable energy sources, and there are comments on
10 the 2009 Integrated Resource Plan.

11 The Connecticut Sierra Club reminds the
12 CEAB that the indirect solar energy, geothermal ground
13 source heat pump, is a potential renewable energy
14 resource. Ground source heat pumps units extract energy
15 from the ground at depths of a meter or more, where the
16 temperature stays essentially constant year round and what
17 is the mean temperature in Connecticut.

18 By avoiding low wintertime air temperatures
19 and outsource heat pumps, maintain an acceptable co-
20 efficient performance of typically three to four. In
21 addition to providing heat in the winter, they can also
22 provide -- be reversed to provide summer cooling.

23 Because ground source heat pump systems
24 have relatively few moving parts and because those parts

ELECTRIC DISTRIBUTION COMPANIES' INTEGRATED RESOURCE PLAN
MARCH 26, 2009

1 are sheltered inside a building, they are durable and
2 highly reliable. The underground piping often carries
3 warranties of 25 to 50 years, and the heat pumps often
4 last 20 years or more.

5 Because they have no outside condensing
6 units, like air conditioners, there is no concern about
7 outside noise. In addition, a two-speed ground source
8 heat pump system is so quiet inside a house that users do
9 not know it is operating.

10 Ground source heat pump systems can provide
11 Connecticut a highly reliable renewable energy resource
12 all year long. That's my comments. Thank you for having
13 me.

14 CHAIRMAN CASSELLA: Thank you, Mr. Jackson.
15 Any questions --

16 COURT REPORTER: Mr. Chair, your
17 microphone, please?

18 CHAIRMAN CASSELLA: Sorry. Thank you, Mr.
19 Jackson. Any questions from the Board? Thank you, sir.

20 MR. JACKSON: You're welcome.

21 CHAIRMAN CASSELLA: Next, is Roger Kuontz.

22 MR. ROGER KUONTZ: Good afternoon. Roger
23 Kuontz, Environment Northeast. Pleasure to see you all.
24 I'd like to congratulate you on the process you developed

ELECTRIC DISTRIBUTION COMPANIES' INTEGRATED RESOURCE PLAN
MARCH 26, 2009

1 and the working relationship with the companies. It's
2 real progress in a short period of time, and the meetings
3 that I've attended are very heartening in the spirit that
4 this plan is moving forward and I appreciate it.

5 And we understand the issues will be
6 subject to further elaboration in the more integrated plan
7 that will be developed in 2010, however, there are some --
8 certainly one aspect of this proposal, which is an action
9 plan and we strongly support, and that is the
10 recommendation that the State commit to funding expanded
11 energy efficiency, as described in the plan.

12 The expansion proposed here is an
13 improvement over the 2008 plan, in that it provides a far
14 more sustainable path of expansion.

15 As secretary, new Secretary Chu of the
16 Department of Energy, Federal Department of Energy said
17 recently, energy efficiency is not the low-hanging fruit.
18 It's the fruit that's lying on the ground, ready for us to
19 pick up, and we need to continue to do that in a more
20 aggressive way.

21 It provides substantial economic and
22 environmental benefits, many of which are not monetized in
23 this plan, which includes only the direct customer and
24 system savings. Economic benefits, which have not been

ELECTRIC DISTRIBUTION COMPANIES' INTEGRATED RESOURCE PLAN
MARCH 26, 2009

1 fully accounted for, are the jobs of the multiplier effect
2 of savings being re-circulated in the State's economy and
3 the like.

4 The direct benefits, net benefits shown in
5 the plan are about 1.5 billion dollars. Connecticut
6 cannot afford to miss this opportunity. This
7 recommendation is consistent with the statutory goals of
8 minimizing customer cost, consistent with environmental
9 standards and with a mandate to meet resource needs with
10 all cost-effective efficiency and demand reduction
11 resources that are reliable and feasible. Thank you very
12 much.

13 CHAIRMAN CASSELLA: Thank you, Roger. Any
14 questions for Mr. Kuontz? Hearing none -- oh, I'm sorry.

15 MR. KUONTZ: There's a hand up.

16 CHAIRMAN CASSELLA: Madam Vice Chair?

17 MS. MARY HEALEY: Roger, can you give us an
18 update on the status of the CL&M and renewable funds here
19 in the legislature? They've been in jeopardy. Do you
20 have any new updates on that that you can give us as a
21 Board?

22 MR. KUONTZ: I can't give you any solid
23 news. You may know that the programs have suspended
24 taking applications, because of the concern that the,

ELECTRIC DISTRIBUTION COMPANIES' INTEGRATED RESOURCE PLAN
MARCH 26, 2009

1 after discussions, I believe, with the Department, because
2 of the concern with the possible taking of funds as part
3 of a deficit mitigation in the State.

4 There are certainly opportunities from the
5 Federal stimulus package, Federal Stimulus Act of the
6 State Energy Program. The Governor on Monday applied for
7 -- certified that funding would be used to expand
8 efficiency programs with some assurance she was required
9 to give as a preliminary to accessing that 38 million
10 dollars, so we're hopeful that that results in an
11 opportunity for the CL&P program to reopen, but you'll
12 have to ask the CL&P folks about that.

13 I think that same certification should
14 apply to the renewable funding, which can also benefit
15 from that State Energy Program funding.

16 MS. HEALEY: Thank you.

17 CHAIRMAN CASSELLA: Roger, I thought, if
18 you take the stimulus money, you have to basically spend
19 what you were planning to spend, so does the fact that
20 we've submitted or the Governor has submitted a request
21 for the 38 or 39-million in the State Energy Program, or
22 State Energy Plan, does that sort of keep you whole or
23 make you safe now, as far as the C&LM dollars are
24 concerned?

ELECTRIC DISTRIBUTION COMPANIES' INTEGRATED RESOURCE PLAN
MARCH 26, 2009

1 MR. KUONTZ: I would hope so, and the
2 renewable dollars, too, right.

3 CHAIRMAN CASSELLA: Okay.

4 MR. KUONTZ: I would hope that that's the
5 way it's seen by both the Governor's office and the
6 legislature.

7 CHAIRMAN CASSELLA: Okay, great.

8 MR. KUONTZ: That would be my legal
9 opinion, too, for what that's worth.

10 MS. HEALEY: I think we'd like to see that
11 result, too, as a Board. Thank you.

12 CHAIRMAN CASSELLA: Thank you, Roger.

13 MR. KUONTZ: Thank you very much.

14 CHAIRMAN CASSELLA: Next is Robert Fromer.

15 MR. ROBERT FROMER: I have more than three
16 minutes. More like five minutes. I'm willing to wait
17 until everyone has testified, if that would be okay.

18 COURT REPORTER: Mr. Chair, your
19 microphone, please?

20 CHAIRMAN CASSELLA: I'm sorry. I don't
21 think we can do that, because if we do that for you, then
22 we should do it for everybody. We'll be liberal on the
23 second hand.

24 MR. FROMER: Oh, I'm glad you've gone from

ELECTRIC DISTRIBUTION COMPANIES' INTEGRATED RESOURCE PLAN
MARCH 26, 2009

1 a conservative to a liberal now.

2 CHAIRMAN CASSELLA: I didn't say that. We
3 also have your written comments.

4 MR. FROMER: Yeah. I put in my written.
5 Okay. Anyway, welcome to Connecticut, a state where
6 energy waste is our most important and prolific product.
7 I'm going to speak about the plan, nuclear power, climate
8 change and alternatives.

9 First, the plan. The primary findings,
10 recommendation and supportive information in the
11 Integrated Resource Plan, and, by the way, it shouldn't be
12 Resource, it should be Resources, because you don't
13 integrate a single resource, you integrate many resources,
14 so I think you may want to make a change in the word,
15 failed to adequately and fully address the individual
16 requirements of the Connecticut General Statute, Section
17 16a-3a.

18 Nothing in 16a-3a refers to an Integrated
19 Resource Plan, nonetheless, it should be more properly
20 labeled as Integrated Resources Plan. The plan's
21 narrative and information was not identified with a
22 specific subsection of the statutes that demonstrate
23 responsiveness to the legislative mandate. For example,
24 resource adequacy is not linked to any specific

ELECTRIC DISTRIBUTION COMPANIES' INTEGRATED RESOURCE PLAN
MARCH 26, 2009

1 subsection. It is left for the reader to figure it out.

2 Furthermore, the plan failed to address one
3 of the most viable technology as a demand side resource,
4 electrical energy storage, and it failed to consider the
5 future of the fuel supply for the energy sources given the
6 realities of peak oil, peak natural gas and peak nuclear
7 fuel.

8 No consideration was given to the impact of
9 plug in hybrid motor vehicles on capacity and its energy
10 storage devices. Finally, the energy return on energy
11 investment of renewables is low compared to fossil fuels
12 and will not within 30 years come close to replacing power
13 generation using fossil fuels assuming no population or
14 energy growth.

15 According to the Integrated Resources Plan,
16 Connecticut has sufficient capacity for the next 10 years,
17 but does it have a guaranteed fuel supply for the same 10
18 years?

19 Nuclear power, nuclear power is not an
20 economically viable source of electric power and provides
21 a low energy return on energy investment, because it
22 requires fossil fuels for construction, operation,
23 maintenance and decommissioning and produces greenhouse
24 gases from the use of such fuels.

ELECTRIC DISTRIBUTION COMPANIES' INTEGRATED RESOURCE PLAN
MARCH 26, 2009

1 In an excellent recent analysis to nuclear
2 allusion, Amory B. Lovins and Imran Sheikh put the course
3 of electricity from a nuclear power plant at 14 cents per
4 kilowatt hour and that from a wind farm at seven cents per
5 kilowatt hour.

6 This comparison includes the cost of fuel,
7 capital, operations and maintenance and transmission and
8 distribution. It does not include the additional cost for
9 nuclear, disposing of waste, insuring plants against an
10 accident and decommissioning the plants when they wear
11 out.

12 Given this huge gap, the so-called nuclear
13 revival can succeed only by unloading these costs onto
14 taxpayers. If all the costs of generating nuclear
15 electricity are included in the price to consumers,
16 nuclear power is dead in the water.

17 CHAIRMAN CASSELLA: Okay, 30 seconds,
18 please.

19 MR. FROMER: Let me go to alternatives or
20 climate change. At the meeting -- conference, energy
21 conference on Tuesday, Senator Fonfara raised a very
22 interesting point. The interesting point is, by 2020,
23 we're going to require 20 percent of our power demand of
24 7,000 megawatts of generation, which is going to equal

ELECTRIC DISTRIBUTION COMPANIES' INTEGRATED RESOURCE PLAN
MARCH 26, 2009

1 about 14 hundred megawatts.

2 This state is not going to be able to
3 produce 14 hundred megawatts of alternative generation.
4 It's going to have to be bought from out of state. That
5 means instead of us in Connecticut sending our money to
6 OPEC, we're going to be sending it to other states. Thank
7 you.

8 What I'd like to do is put in this summary,
9 and I'll send it to Gretchen, so in case you decide you
10 don't want to read my entire earlier transmission, you'll
11 perhaps read this shortened version.

12 CHAIRMAN CASSELLA: Thank you. Any
13 questions? Thanks, Mr. Fromer. Paul Michaud from
14 Connecticut Clean Energy Fund.

15 MR. PAUL MICHAUD: Don't start the clock
16 yet. Okay. Good afternoon, Mr. Chairman and members of
17 the Board. My name is Paul Michaud, and I am the Managing
18 Counsel and Director of Regulatory Policy for the
19 Connecticut Clean Energy Fund.

20 My comments will focus on Section Three of
21 the EDC's proposed IRP, which relates to the EDC's
22 renewable energy plan. By way of background, the CCF is
23 charged by the Connecticut legislature to invest in and
24 deploy renewable energy generation sources and

ELECTRIC DISTRIBUTION COMPANIES' INTEGRATED RESOURCE PLAN
MARCH 26, 2009

1 technologies for the State.

2 The CCF's primary source of funding comes
3 from a one mil charge on the electric bills of the
4 customers of the Connecticut Light and Power Company and
5 the United Illuminating Company. This provides the CCF
6 with about 28 million dollars annually to invest in
7 renewable generating projects and other renewable
8 programs.

9 Through the CCF, Connecticut has a well-
10 placed and well-developed and efficient infrastructure in
11 place for developing, evaluating and funding renewable
12 generating projects. The CCF's renewable energy programs
13 are among the best in the nation and have been achieving
14 outstanding results.

15 Attached to our written comments is our
16 detail reports of our activities. I would urge the
17 members of the committee to carefully review those
18 reports. The large problem facing the CCF is that demand
19 for our renewable programs exceeds available funds.

20 For example, the CCF has a waiting list of
21 over 50 distributed generation and utility scale grid side
22 renewable generation projects that have been approved for
23 funding for a contingent on funds being available each
24 month.

ELECTRIC DISTRIBUTION COMPANIES' INTEGRATED RESOURCE PLAN
MARCH 26, 2009

1 The CCF also has about 134 renewable
2 projects currently in its review and evaluation pipeline.
3 The CCF's general assessment of the proposed IRP as it
4 relates to renewable energy is that it has a strong bias
5 in favor of the interest of the EDCs and appears to lack
6 any innovative or creative ideas to best leverage the
7 existing successful CCF programs with the financial and
8 transmission capabilities of the EDCs.

9 The CCF has the following three specific
10 concerns regarding the proposed IRP as it relates to
11 renewables. Concern number one, the proposed IRP is
12 biased and causes a conflict of interest for the EDC's
13 selection of renewable projects.

14 If the EDCs were allowed to conduct
15 renewable generation solicitations in renewable generating
16 projects, the EDCs, as distribution and transmission
17 companies, may likely tend to favor their own projects or
18 those renewable generating projects that would create the
19 need for additional transmission or provide other
20 shareholder returns over other projects.

21 The real or perceived conflict will likely
22 significantly reduce participation from the established
23 competitive renewable generation community that has driven
24 the success of Connecticut's past renewable generation

ELECTRIC DISTRIBUTION COMPANIES' INTEGRATED RESOURCE PLAN
MARCH 26, 2009

1 achievements.

2 Concern number two. The proposed IRP would
3 kill the flow of millions of dollars of private investment
4 into Connecticut. For example, through the CCF's on-site
5 renewable distributed generation program, the CCF has
6 funded several dozen fuel cell, biomass, solar and wind
7 projects.

8 In almost every case, either the project
9 host and/or a private sector, third party investor has
10 provided more than half of the costs and all of the risk
11 to make these projects financially viable.

12 CHAIRMAN CASSELLA: We need you to wrap up,
13 please.

14 MR. MICHAUD: Okay. By contrast, if the
15 EDCs had built, owned and rate based all of these
16 projects, 100 percent of the investment capital risk would
17 have been provided by the ratepayers, so with CCF
18 programs, you can think of it as a 50 percent off sale,
19 because we're able to bring in more than half of the
20 funding from private capital sources, rather than rate
21 basing.

22 We have a number of other concerns, and
23 they're in our written comments.

24 CHAIRMAN CASSELLA: That's fine. Thank

ELECTRIC DISTRIBUTION COMPANIES' INTEGRATED RESOURCE PLAN
MARCH 26, 2009

1 you.

2 MR. MICHAUD: Okay.

3 CHAIRMAN CASSELLA: We'll take a look at
4 the comments.

5 MR. MICHAUD: We also have several
6 recommendations that I would ask that you read. Thank
7 you.

8 CHAIRMAN CASSELLA: Any questions?

9 MR. JOHN MENGACCI: Could you go into just
10 the recommendations that perhaps you didn't get to? Were
11 you going to, as part of what you were going to say, Paul,
12 were you going to mention what those recommendations were?

13 MR. MICHAUD: Yes.

14 MR. MENGACCI: Okay.

15 MR. MICHAUD: I have three very quick
16 recommendations. We have three. The CCF has three very,
17 yeah.

18 MR. MENGACCI: Can I hear those, please?

19 MR. MICHAUD: Okay. First, the CCF
20 recommends that if the EDCs want to participate in the
21 development of renewable generation projects, that they
22 compete on the same basis as other competitive renewable
23 generation market participants, perhaps by forming
24 competitive affiliates. These competitive affiliates

ELECTRIC DISTRIBUTION COMPANIES' INTEGRATED RESOURCE PLAN
MARCH 26, 2009

1 could then compete head-to-head in the market, and I
2 believe UI has done this in other solicitations already
3 with NRG.

4 Our second recommendation is, because we
5 strongly believe that there's a substantial public benefit
6 to have a neutral third party, such as the CCF conducts
7 solicitations for long-term contracts with the utility
8 scale grid side and DG projects, and the reason being
9 there's no real perceived investor-driven conflict of
10 interest in the outcome, because we're a quasi public
11 agency, the CCF recommends that it be tasked to continue
12 to take a lead role in conducting renewable solicitations,
13 such as it already does under Project 150 and our on-site
14 DG program.

15 We recommend a program similar to Project
16 150 could be developed to include consideration of
17 renewable projects located outside of Connecticut's
18 borders to access a more and potentially lower cost
19 resources. The CCF is not prohibited by statute, other
20 than Project 150, to develop renewable resources outside
21 of Connecticut.

22 Our final recommendation is, if it is
23 ultimately determined that the EDCs and not through a
24 competitive affiliate, which is not what were recommended,

ELECTRIC DISTRIBUTION COMPANIES' INTEGRATED RESOURCE PLAN
MARCH 26, 2009

1 but if that is ultimately determined, that they may
2 develop own rate base renewable generating assets and
3 compete head-to-head against the competitive projects,
4 market participants, the CCF recommends that the cost of
5 service recovery model, similar to the model that's being
6 proposed in Project 150, be made available to both the
7 EDCs and the competitive renewable generation market
8 participants.

9 Again, the whole premise is a fair and
10 level playing field for both the EDCs and the competitive
11 generation providers. Those are our three
12 recommendations.

13 CHAIRMAN CASSELLA: Paul, as far as solar
14 thermal is concerned, you were going to do a pilot, as I
15 recall, before the funding ran out. Was that the case?

16 MR. MICHAUD: That's correct. We had
17 developed a program, and then now it's basically on hold.

18 CHAIRMAN CASSELLA: And what do you think
19 the future of solar thermal is if there were funding
20 there? I mean the balance seems to be in favor of photo-
21 voltaics, and just my quick calculations are telling me
22 that solar thermal are probably a better investment, in
23 terms of return.

24 MR. MICHAUD: And we agree. Solar thermal

ELECTRIC DISTRIBUTION COMPANIES' INTEGRATED RESOURCE PLAN
MARCH 26, 2009

1 is about 10 percent of the cost of PV, and we intended on
2 aggressively moving forward on that if funds were
3 available, so we're very much in favor of promoting solar
4 thermal, as well as PV.

5 CHAIRMAN CASSELLA: And in terms of, you
6 know, incentives -- well what about in terms of policy
7 making? I mean should we be incenting solar thermal more,
8 or less, or should we be looking at tax credits for solar
9 thermal?

10 MR. MICHAUD: The way the Clean Energy Fund
11 provides incentives for projects now is we take -- we do a
12 full economic analysis of the project. We take into
13 consideration all the Federal tax credits and any tax
14 benefits. We take into consideration any project
15 investment coming into the project, so what we do is we
16 provide just enough incentive to make the projects go.

17 For example, solar thermal requires,
18 because it is more cost-effective, it requires much less
19 of an incentive than, for example, PV.

20 MS. HEALEY: Good afternoon, Paul.

21 MR. MICHAUD: Good afternoon.

22 MS. HEALEY: I have a similar question to
23 the one I asked Roger Kuontz. Can you advise the Board
24 what you know on the status of the renewable funds, and

ELECTRIC DISTRIBUTION COMPANIES' INTEGRATED RESOURCE PLAN
MARCH 26, 2009

1 what might be the impact of any reduction in those funds
2 on the ability of the State to attract some economic
3 stimulus funds here?

4 MR. MICHAUD: I guess my answer is similar.
5 It's up in the air. There are several raised bills that
6 have come out of the committee. We're not sure where
7 they're going to end up, so we're not really sure if we're
8 going to have some of our money taken away, or have some
9 of it diverted to other programs. There's a lot of ideas
10 swirling around.

11 It is true, I mean, there is a legal hitch
12 in that in regard to the stimulus funds, where if our
13 funds were to be taken, that may affect the ability of the
14 State to collect the funds, so that may allow the Clean
15 Energy Fund to go forward with the funds it has.

16 There's one thing I would really like to
17 stress, is that even if we had our full funding, the
18 demand for renewables is so great it's larger than the
19 small amount of money the CCF receives.

20 If we received adequate funding, it would
21 be almost unlimited on the amount of projects that we
22 could develop. That's the only thing holding back the
23 fund.

24 MS. BUCKLEY: In your opinion, what would

ELECTRIC DISTRIBUTION COMPANIES' INTEGRATED RESOURCE PLAN
MARCH 26, 2009

1 be considered adequate funding to meet the demand that you
2 see?

3 MR. MICHAUD: Everything. (Laughter)

4 MS. BUCKLEY: I mean in terms of what sort
5 of increases would you --

6 MR. MICHAUD: Well it's two things. I mean
7 you could triple our funding, and we could easily spend it
8 with no problem. I think what we're looking for is we
9 need more of a creative financing solution. That's
10 probably a better long-term solution.

11 I mean the more funding we get, that's
12 great, and that really works with residential -- projects,
13 but to the extent, for example, you know, if we could have
14 a joint program with the utilities and allow them to
15 finance these projects, you know, tap into their vastness,
16 that might be a win/win combination for the State of
17 Connecticut in regard to really moving renewables forward
18 quickly.

19 MS. HEALEY: Just a quick follow-up. Are
20 you looking at other funding, other than the ratepayers
21 through the utilities through grants or bonds, taxing,
22 third parties, things like that?

23 MR. MICHAUD: Yeah.

24 MS. HEALEY: Any and all creative ideas are

ELECTRIC DISTRIBUTION COMPANIES' INTEGRATED RESOURCE PLAN
MARCH 26, 2009

1 welcome.

2 MR. MICHAUD: Yeah. We have, and we've
3 been very aggressive on this. We've sent people to
4 Washington, even before the stimulus package, to meet with
5 the New England delegation. We've been working to get,
6 you know, any Federal funding. We're working that angle.

7 We've partnered with the Department of
8 Energy on a lot of programs in our goal three area, where
9 we've been able to leverage those funds, and now we're
10 sort of waiting on the stimulus funds.

11 Probably the most successful thing we've
12 done in leveraging funds is actually bringing in the third
13 party finance companies. They've really made DG programs
14 possible.

15 What happens is we fund a portion of the
16 project, for example, whole foods, or any of those type of
17 large stores. They enter into a PPA with our third party
18 finance company, and they finance it through their private
19 investment funds, and the customers have been very happy.

20 They've been able to lock into 20-year
21 agreements at a flat cost, and pretty comparable to, you
22 know, the going rate.

23 CHAIRMAN CASSELLA: How many installers are
24 there for solar thermal at this point in the state? If

ELECTRIC DISTRIBUTION COMPANIES' INTEGRATED RESOURCE PLAN
MARCH 26, 2009

1 somebody wanted to actually put one in, how many people do
2 you have or do you know of?

3 MR. MICHAUD: I think we have like 21 or 22
4 installers that do PV. There's a number of installers who
5 are just waiting for a program. I mean we've received
6 dozens and dozens of inquiries on it, so I couldn't tell
7 you how many there really are out there.

8 And under the PV program, we actually
9 certify them, but I'm sure there are dozens that are just
10 waiting for something to roll out.

11 CHAIRMAN CASSELLA: Thank you.

12 MR. MICHAUD: Thank you.

13 CHAIRMAN CASSELLA: Jeff Schlegel, ECMB.

14 MR. JEFF SCHLEGEL: Good afternoon. Jeff
15 Schlegel, Consultant to the ECMB, Energy Conservation
16 Management Board. I wanted to thank you for the
17 opportunity to provide oral comments to the CEAB on the
18 2009 IRP.

19 I also want to thank the EDCs and their
20 consultant for their work in developing the plan. As I
21 believe you are aware, the ECMB and its consultants worked
22 with the EDCs and provided input to the energy efficiency
23 and DSM portions of the plan as a coordinated and
24 collaborative effort.

ELECTRIC DISTRIBUTION COMPANIES' INTEGRATED RESOURCE PLAN
MARCH 26, 2009

1 Therefore, as you likely suspect, the ECMB
2 supports the energy efficiency and DSM white paper and
3 that section of the plan and the energy efficiency
4 findings and recommendations in the IRP. In particular,
5 the ECMB supports the plan's recommendation that the State
6 should expand energy efficiency and that doing so would
7 benefit Connecticut consumers.

8 In terms of specific comments, which the
9 CEAB requested, the ECMB supports finding number four and
10 recommendation number four in the executive summary of the
11 plan. I'm not going to repeat them here, due to my three-
12 minute limit.

13 Further, the ECMB -- it is working. It's
14 an effective tool. Further, the ECMB supports the white
15 paper, the DSM white paper in the plan, Section Two, and
16 the expanded energy efficiency case set forth in that plan
17 and the specifics that go with that case.

18 The IRP established ambitious yet
19 achievable energy and peak demand savings targets, the
20 expanded energy efficiency case through 2019 as part of
21 the overall effort to achieve and acquire all cost-
22 effective energy efficiency and demand resources, demand
23 reduction resources, as required by the statute, so that
24 expanded energy efficiency case is compliant and

ELECTRIC DISTRIBUTION COMPANIES' INTEGRATED RESOURCE PLAN
MARCH 26, 2009

1 responsive to the statute.

2 The ECMB supports the plan's finding that
3 the total benefits of the expanded energy efficiency case
4 would be very substantial and, thus, should be funded.
5 Table 2.1 in the plan shows that the costs and benefits of
6 the installation -- shows the costs and benefits of the
7 installation of each year's expanded energy efficiency
8 programs, and the expanded energy efficiency case would
9 provide 3.7 billion dollars, billion with a B, in net
10 electric system benefits in Connecticut. That's benefits
11 that exceed the cost that Connecticut would spend during
12 that period.

13 In a hearing earlier today, I wanted to
14 alert you that there's an energy efficiency renewable
15 energy job study that was released today, and I would
16 encourage the CEAB to review that. It demonstrated that
17 there was about 27 hundred direct energy efficiency jobs
18 currently and over 7,000 in terms of direct induced and
19 indirect in the State of Connecticut.

20 An update on the energy efficiency
21 potential study, the analysis is complete. The ECMB is
22 reviewing a final draft report. The report should be
23 finalized on or before the next ECMB meeting on April 8th,
24 so that report should come before you and should be

ELECTRIC DISTRIBUTION COMPANIES' INTEGRATED RESOURCE PLAN
MARCH 26, 2009

1 valuable in your review.

2 And then, finally, the ECMB supports and
3 appreciates the collaborative and the stakeholder
4 processes of both the EDCs and the CEAB, and these
5 processes have really increased the quality of the
6 information and the buy in of all stakeholders, in terms
7 of supporting that information.

8 Such processes would do the same thing
9 during the CEAB's review, and, therefore, the ECMB stands
10 ready to answer any questions or assist the CEAB in any
11 matter in your review. And, with that, I conclude my
12 comments and thank you.

13 CHAIRMAN CASSELLA: Thanks, Jeff. Any
14 questions for Jeff?

15 MS. HEALEY: I have one. Quickly, Jeff.
16 Thank you. On your report that you were at this morning
17 on energy efficiency jobs, 27 hundred jobs, that's quite a
18 lot of jobs, can you tell us is that assumes the funding
19 from the expanded case for energy efficiency, and is there
20 a projection for how long those jobs would be sustained?
21 Is it at that funding level?

22 MR. SCHLEGEL: Good questions. The 27
23 hundred jobs is the total number of jobs in the energy
24 efficiency industry in Connecticut, so that includes both

ELECTRIC DISTRIBUTION COMPANIES' INTEGRATED RESOURCE PLAN
MARCH 26, 2009

1 the regulated and ratepayer funded programs, as well as
2 things happening in the natural market.

3 The ratepayer funded programs and the
4 activities associated with the programs were the vast
5 majority of those jobs of the 27 hundred. That included
6 essentially the current funding level, the roughly 90
7 million dollars of funding that was used, because there
8 was a snapshot of the current baseline of jobs, and those
9 27 hundred jobs are the current baseline in Connecticut.
10 Again, that's largely supported by the program.

11 The 27 hundred is in job years, so in order
12 to continue that exact amount of activity in each year,
13 you'd have to spend essentially that similar amount of
14 money each year, because the funding is in job years.

15 CHAIRMAN CASSELLA: Jeff, does the 27
16 hundred include -- are those extra utility, or does that
17 include the people that are engaged in the utilities?

18 MR. SCHLEGEL: It included the roughly 90
19 jobs that are included that are employed in the utilities
20 and in the direct jobs total. Remember, those are direct
21 jobs. There's over 7,000 jobs or about 7,000 jobs
22 included in the indirect and induced. The indirect would
23 be, you know, things like the distribution of products,
24 etcetera, and the induced would be the re-spending, re-

ELECTRIC DISTRIBUTION COMPANIES' INTEGRATED RESOURCE PLAN
MARCH 26, 2009

1 spending in the economy of what those jobs produce, and
2 DECD did the analysis of the economic multipliers.

3 CHAIRMAN CASSELLA: Any further questions?

4 MR. MENGACCI: So under the maximum funding
5 scenario, are you able to project out what the increase in
6 the number of jobs could potentially be?

7 MR. SCHLEGEL: We are able to do that. We
8 have not done that yet. The first stage of the study that
9 was presented earlier today was just a snapshot of
10 baseline analysis. The second and third stages of the
11 studies are a strategic analysis looking forward.

12 And Navigant Consulting, the firm that's
13 conducting that study, it's a joint project of the Clean
14 Energy Fund and the Energy Efficiency Fund, and Navigant
15 will continue with that work, and we are going to, in
16 short order, forecast the jobs that would be available at
17 different levels of funding.

18 MS. HEALEY: For the record, could we get a
19 site to a website to get that plan?

20 MR. SCHLEGEL: Yes. The plan, I believe,
21 will be posted on the Clean Energy Fund's website probably
22 by tomorrow. It was publicly released today. And the
23 ECMB's website will also link to that site. There's an
24 executive summary and then a full storyboard report, as

ELECTRIC DISTRIBUTION COMPANIES' INTEGRATED RESOURCE PLAN
MARCH 26, 2009

1 well.

2 CHAIRMAN CASSELLA: Jeff, one of the
3 sections in the plan is on emerging technologies, and we
4 heard that we hadn't looked at plug-in hybrids and,
5 believe me, we will, but what do you see coming down the
6 road, in terms of emerging technologies, vis-à-vis C&LM?

7 MR. SCHLEGEL: There are some emergent
8 technologies that go in the area. There's some that are
9 specifically relating to energy efficiency, things like
10 solid-state lighting, you know, is clearly coming in this
11 10-year period that this plan applies to.

12 Then there are technologies that are
13 currently available in other economies in the world, but
14 that are not widely available in the United States. For
15 example, I think we'll see micro-generators and combined
16 heat and power and smaller scales.

17 For example, in Connecticut, you may see
18 fuel cells at different scale levels. These are all
19 technologies that you would consider. CHP fits within the
20 overall effort of electric energy efficiency and that it
21 reduces the electric load, so we tend to look at that as
22 part of the portfolio. There's separate incentives and
23 initiatives in the state to support that.

24 In terms of where things are really going,

ELECTRIC DISTRIBUTION COMPANIES' INTEGRATED RESOURCE PLAN
MARCH 26, 2009

1 most of the things are going to -- most of the efforts are
2 focused on deeper savings, getting deeper savings and
3 being more comprehensive, and I think that's probably the
4 biggest overall change, and some of the technologies
5 clearly support that.

6 So instead of getting, say, five to 15
7 percent savings for a customer, each customer that is
8 touched by the program, or gets a service, trying to save
9 more like 20 or 30 percent for that customer, so it makes
10 a significant difference for that particular customer.

11 So it's the combination of technologies and
12 marketing and education and promotion and financial
13 incentives that would encourage these deeper savings jobs,
14 and I think that's probably the biggest change in the next
15 few years, and that would be necessary to and was included
16 in the expanded energy efficiency case.

17 CHAIRMAN CASSELLA: The more you spend, the
18 deeper you go with a customer, the lower your cost benefit
19 number is going to become, right?

20 MR. SCHLEGEL: If you go linearly up the
21 conservation supply curve and linearly through the lowest
22 hanging fruit, most cost-effective to least cost-
23 effective, that's true, but there are some synergies that
24 happen on projects.

ELECTRIC DISTRIBUTION COMPANIES' INTEGRATED RESOURCE PLAN
MARCH 26, 2009

1 For example, if you do each thing and then
2 you come back to the house again and come back to the
3 house again, then each time you have transaction costs and
4 marketing costs and administrative costs. If you do
5 everything at once, then it's actually cheaper to do all
6 the things in one visit than it is to do each one
7 incrementally through the supply curve.

8 There's also synergies that happen in
9 projects. For example, if you take care of, say, the
10 motor load and the lighting load and you're also doing
11 HVAC, you can reduce the size of the chiller or the
12 cooling plant and reduce the capital cost, whereas if you
13 did them one at a time, you'd obviously have a more
14 expensive thing.

15 Overall, those offset the diminishing
16 returns, essentially, that you're citing, but you can
17 still see that there's roughly 3.7 billion dollars over
18 the 10-year period, which is a significant amount of net
19 benefits above the costs.

20 I mean the benefit cost ratios are still
21 approaching two, so for each, you know, two or more, I
22 believe it is, in the plan. Let me just look that up real
23 quickly. Actually, it's 3.6 overall average over the
24 time, and it goes down from four, the four dollars to

ELECTRIC DISTRIBUTION COMPANIES' INTEGRATED RESOURCE PLAN
MARCH 26, 2009

1 three dollars over that 10-year period, but it averages
2 3.6. That's the total benefit cost ratio.

3 COURT REPORTER: One moment, please.

4 MR. SCHLEGEL: Nuclear residential is not
5 likely, and I suggest that the ECMB probably wouldn't
6 support that as a technology under their portfolio. That
7 would be my guess. Thank you.

8 COURT REPORTER: Microphone, please.

9 CHAIRMAN CASSELLA: I'm sorry. Chris
10 Sherman.

11 MR. CHRIS SHERMAN: Good afternoon, Mr.
12 Chairman and members of the Board. My name is Chris
13 Sherman. I'm the General Counsel of the New England Power
14 Generator's Association. The New England Power
15 Generator's Association, or NEPGA, represents 26,000
16 megawatts, 18 companies in New England, approximately 73
17 hundred megawatts in Connecticut. We represent
18 approximately 4,000 jobs in New England, approaching 2,000
19 jobs in Connecticut.

20 At the outset, I do want to applaud the
21 Board and the participants in this plan. We do see
22 tremendous improvement between '08 and '09, and we are
23 encouraged to hear and to see a greater involvement in the
24 stakeholder process. We do think that stakeholders have

ELECTRIC DISTRIBUTION COMPANIES' INTEGRATED RESOURCE PLAN
MARCH 26, 2009

1 tremendous value to bring to this plan, and as we embark
2 on some of the future years, we do look forward to our
3 involvement.

4 We do feel that the 2009 plan should better
5 recognize that the competitive market infrastructure plays
6 a unique role in resource development. While the 2009
7 plan acknowledges the dramatic changes and factors
8 affecting resource development and supply, it fails to
9 similarly recognize or fully recognize the corresponding
10 changes that the competitive market have undergone in
11 response.

12 As a result, many of the recommendations in
13 the plan favor transmission and energy efficiency and
14 demand response resources that the utilities are directly
15 involved in delivering, and NEPGA urges the CEAB to inject
16 appropriate policy measures to promote effective
17 competition amongst all resource types.

18 In general, the plan advances very
19 aggressive transmission and demand side resource proposals
20 that could interfere with the competitive market dynamics
21 and show investments in future resources, and we want to
22 continue to provide Connecticut with the benefits that
23 consumers have experienced.

24 We did submit written comments, and I just

ELECTRIC DISTRIBUTION COMPANIES' INTEGRATED RESOURCE PLAN
MARCH 26, 2009

1 want to summarize a couple of those in recognition of the
2 time limit. First, we think that the plan should more
3 comparably analyze demand side management resources with
4 conventional resources.

5 We're concerned that the demand side
6 management projections that the utilities have relied upon
7 in the development of the plan are too aggressive to
8 reliably and cost-effectively serve projected load growth.

9 The reliability of the power needs, excuse
10 me, are better served by a balanced resource portfolio
11 that probably recognizes the relative value of supply and
12 demand resources, and the New England system is currently
13 approaching a 10 percent reliance on demand resources.

14 This is an unprecedented increase in the
15 New England system, and we haven't fully realized or have
16 the operational experience to be assured that the system
17 can reliably be maintained with such a high penetration of
18 these resources.

19 Second, I'd like to talk about
20 recommendation six and just stress that the evaluation
21 criteria for long-term contracts the selection should be
22 uniform and non-discriminatory to all participants in the
23 market and incorporate the known benefits available
24 through the competitive market fundamentals.

ELECTRIC DISTRIBUTION COMPANIES' INTEGRATED RESOURCE PLAN
MARCH 26, 2009

1 The last thing I'd like to touch upon is
2 the evaluation of transmission resources. We think that
3 the plan should better look at and analyze. We were
4 encouraged to see that there was a little bit more of a
5 formulaic approach to looking at supply and demand
6 resources, but we would like to see a better incorporation
7 of some of the competitive market principles and analyzing
8 what is actually in the best interest when we're looking
9 to procure resources, the best interest to the consumers
10 and all of the stakeholders and recognize that the
11 reliance that many of the market participants have made on
12 these market principles.

13 That's the summary of the written comments
14 that we submitted. I'd be happy to take any questions.

15 CHAIRMAN CASSELLA: Thank you. Any
16 questions?

17 MR. MENGACCI: I do. Hi, Chris. Thank
18 you. I think Mr. Fromer, in his testimony, brought up a
19 good point, and I'd like to ask you this. Fuel diversity
20 obviously is very important when we look at the assets
21 that we have throughout the region.

22 MR. SHERMAN: It is.

23 MR. MENGACCI: What do your members -- are
24 your members looking out five, 10, 15 years from now to

ELECTRIC DISTRIBUTION COMPANIES' INTEGRATED RESOURCE PLAN
MARCH 26, 2009

1 try to figure out how they're going to insure the energy
2 supply that they need, so that they can continue to
3 generate electricity?

4 MR. SHERMAN: We are.

5 MR. MENGACCI: And, if so, what do they
6 see? What do you see?

7 MR. SHERMAN: Yeah, I understand your
8 question, and we do recognize the challenges of fuel
9 diversity, but one of the challenges that has been placed
10 upon us is that we have to react to a lot of the
11 regulatory externalities, and, predominately, I want to be
12 clear. It is predominately the environmental regulations
13 that have been placed on us for lower knocks, lower socks,
14 lower carbon emissions.

15 We definitely think that those are
16 laudable, but they do have an impact on fuel diversity,
17 whereas what we see and when you look at the cue system
18 that is within ISO-New England, is the majority of
19 projects that are coming on line are natural gas fired,
20 and that is largely because that is what the regulations
21 have dictated for us as generators in the competitive
22 market.

23 We very much would like to introduce fuel
24 diversity. NEPGA has an organization as fuel neutral, but

ELECTRIC DISTRIBUTION COMPANIES' INTEGRATED RESOURCE PLAN
MARCH 26, 2009

1 we do definitely see advantages of greater fuel diversity,
2 however, from a business perspective, it probably wouldn't
3 be in our best interest to introduce some of the
4 technologies that would better lend themselves to fuel
5 diversity, because they're probably not going to get
6 developed in the near term.

7 There was a mention of, obviously, there
8 was a mention of nuclear resources. Specifically, nuclear
9 resources. We don't, as an organization, go out and
10 advocate on one particular fuel type, but that would lend
11 itself tremendously to fuel diversity.

12 MR. MENGACCI: Does it give your members,
13 or does it make your members uneasy with the fact that
14 they are becoming, through regulatory structures, more
15 heavily dependent on natural gas?

16 MR. SHERMAN: In our testimonies, comments,
17 we have raised the issue right now. When I got into the
18 business, I used to manage natural gas for a fleet of
19 facilities. Back in the '90s, we were 18 percent reliant
20 on natural gas. Today, we're 38 to 40 percent reliant on
21 natural gas.

22 We recognize the constraints on the
23 pipeline system. We recognize that we don't have any
24 indigenous resources. We have structured our operations,

ELECTRIC DISTRIBUTION COMPANIES' INTEGRATED RESOURCE PLAN
MARCH 26, 2009

1 or the members have structured their operations to handle
2 that in the best manner that they can, and I think we do
3 that in the most responsible manner possible.

4 But I think that everybody needs to be
5 cognizant at looking forward. We, as a region, would be
6 better served from all perspectives, from reliability,
7 from cost and just from innovation and from driving jobs,
8 we would all be better served to be able to look
9 realistically at other resources and recognize that
10 through some of the environmental initiatives, for
11 example, the regional greenhouse gas initiative, that
12 generates a lot of funds.

13 Those funds are being directed solely and
14 exclusively to demand response and energy efficiency.
15 That's a very good use of money. Those resources have a
16 very valuable role to play in this market, however, as we
17 look forward and we see -- right now, we're in a time
18 where we're not experiencing tremendous growth, but we do
19 see, on average, about a two percent growth per year.
20 That cannot all be accommodated through the demand side of
21 this market. It has to anticipate future supply side
22 resources.

23 Now one of the considerations we have to
24 look at is fuel diversity. Can we continue to meet all of

ELECTRIC DISTRIBUTION COMPANIES' INTEGRATED RESOURCE PLAN
MARCH 26, 2009

1 our supply side resources with natural gas? There's a
2 couple of sides to that, as well, because we are starting
3 to see increased supplies through LNG. There's a facility
4 that is being, currently being constructed in New
5 Brunswick. There's also one being proposed in
6 Massachusetts, so those supplies will increase.

7 In sum, I do think it is in our best
8 interest. We, as a membership, think it's in our best
9 interest to start considering all resources.

10 MR. MENGACCI: Yeah, because the increase
11 that you just related, from 18 to 38 --

12 MR. SHERMAN: We're approximately 38
13 percent right now, that's correct.

14 MR. MENGACCI: That, frankly, makes me a
15 little bit uneasy.

16 MR. SHERMAN: And just to add to your
17 unease, if we build everything --

18 MR. MENGACCI: Well thank you very much.

19 MR. SHERMAN: If we build everything in the
20 cue right now, we'll be approximately 50 percent reliant
21 on natural gas. Certain areas are more reliant on natural
22 gas. Again, I began my career in electricity and natural
23 gas. It has tremendous operational and environmental
24 benefits.

ELECTRIC DISTRIBUTION COMPANIES' INTEGRATED RESOURCE PLAN
MARCH 26, 2009

1 MR. MENGACCI: I'm sorry, Chris. I'm sorry
2 to keep cutting you off, but you say it's certain areas,
3 Chris. Are you talking about other geographical areas in
4 the country that are more --

5 MR. SHERMAN: No. In the country, the only
6 other RTO that is more dependent on natural gas is Texas.
7 Now they have tremendous indigenous resources. We, as a
8 region, do not, when I talk about there are certain load
9 pockets within New England that are more reliant as a
10 percentage on natural gas than others.

11 MS. HEALEY: Along the lines of the fuel
12 diversity goal that is part of our energy plan for the
13 State for many years, isn't it also been, you know, our
14 RTO, ISO-New England, has a market design that's based on
15 a single clearing price?

16 MR. SHERMAN: That's correct.

17 MS. HEALEY: And that single clearing price
18 is really a marginal cost, is a gas peaker?

19 MR. SHERMAN: About 85 percent of the time,
20 that's correct.

21 MS. HEALEY: Of the time. And, you know,
22 in reviewing that market design, doesn't that negatively
23 impact this fuel diversity goal, because we've been under
24 this market design for, well, since we deregulated in

ELECTRIC DISTRIBUTION COMPANIES' INTEGRATED RESOURCE PLAN
MARCH 26, 2009

1 1998, and the idea was the lower cost generators that
2 would get a very good profit by being paid like a natural
3 gas peaker, that ought to say to the market, you know,
4 there's good opportunity here. Let's build some more low-
5 cost capacity, and that really never came to pass.

6 That kind of, you know, is a good incentive
7 in theory, but it has not come to pass, because part of it
8 is a political reality, that it takes a lot of capital and
9 lot of political will to build nuclear plants and low-cost
10 coal plants in a state, such as Connecticut.

11 Your thoughts or advice to this Board on
12 where we may focus to try to dislodge that disconnect
13 between the way our market is designed and trying to get
14 more fuel diversity and get away from the natural gas
15 dependency that's concerning us all.

16 MR. SHERMAN: Yeah, I agree with you.
17 Clearly, that single market clearing price does have the
18 benefit of incenting some of these lower cost resources.

19 Now there is a conflict in some of the
20 policies we see, and, again, I don't want to give the
21 impression that I am disparaging the environmental
22 regulations that we have, but, clearly, it has served to
23 limit the ability of generators to build anything but
24 natural gas, so I think this IRP process potentially could

ELECTRIC DISTRIBUTION COMPANIES' INTEGRATED RESOURCE PLAN
MARCH 26, 2009

1 be the perfect vehicle to investigate and look at some of
2 these other resources and look at some of the revenue that
3 is generated through some of these initiatives to say
4 should we invest in some of these resources that brings
5 about some of the lower cost alternatives, and some of
6 them today may not be compatible with the environmental
7 goals that have been implemented by the legislature, but
8 that is clearly something that could be remedied by
9 innovation, and it's innovation that could create more
10 jobs, that could give us perhaps a technology that we
11 could export, not just outside of this region, you know,
12 areas that have a much higher concentration of the
13 emissions that we are looking to remove through some of
14 these programs.

15 If we can get some of that innovation, use
16 some of these initiatives to innovate and export some of
17 that technology to other areas in other countries.

18 CHAIRMAN CASSELLA: Any other questions?

19 A MALE VOICE: No rebuttal, Ms. Babbidge?

20 MS. BABBIDGE: No rebuttal at this time.

21 CHAIRMAN CASSELLA: Thank you. Thank you
22 very much.

23 MS. HEALEY: Thanks, Chris.

24 CHAIRMAN CASSELLA: Our next presenter is

ELECTRIC DISTRIBUTION COMPANIES' INTEGRATED RESOURCE PLAN
MARCH 26, 2009

1 Jon Gordon.

2 MR. JON GORDON: Thank you, Chairman
3 Cassella and members of the Board. My name is Jon Gordon.
4 I'm manager of Market Analysis for NRG Energy. NRG is a
5 competitive wholesale generator in Connecticut. We own and
6 operate five power plants that provide over 2,000
7 megawatts of generation or enough to power nearly a third
8 of the State, and in the 10 years NRG has owned these
9 plants, air emissions have been reduced by over 90
10 percent.

11 Thank you for the opportunity to provide
12 comments today. We have filed detailed comments, so I'll
13 be brief. First, we'd like to applaud the CEAB for their
14 diligent efforts over the past year and a half in
15 advancing the Integrated Resource Planning process in
16 Connecticut. While we have concerns with some specific
17 aspects of the current plan, we are encouraged with the
18 overall direction of the IRP process, and we support the
19 CEAB effort to move toward a full comprehensive plan in
20 2010.

21 NRG was also pleased to participate in the
22 reactive RFP process conducted by the CEAB, and we're
23 pleased to have our proposed merit and generation project
24 recommended to the Connecticut Siting Council for further

ELECTRIC DISTRIBUTION COMPANIES' INTEGRATED RESOURCE PLAN
MARCH 26, 2009

1 consideration as an alternative to the first phase of the
2 proposed NEEWS transmission project.

3 NRG does have concerns with the resource
4 planning framework of the 2009 IRP, which includes the
5 proposed NEEWS transmission project as a resource in the
6 base case for determining resource need in Connecticut.

7 The cost of the NEEWS project are not
8 known, and the benefits to Connecticut have not been
9 demonstrated. The need for NEEWS is currently being
10 evaluated by ISO-New England, in light of current economic
11 conditions, and the resource development since the
12 original need determination was made by the ISO.

13 Additionally, only the first of the four
14 phases of NEEWS has been submitted to the Siting Council
15 for approval in a process that will be deliberated until
16 February of 2010. The three other phases of NEEWS have
17 yet to be submitted for Siting Council approval.

18 Also, we do disagree with the plan's
19 finding, that Connecticut has sufficient generation
20 capacity for the next 10 years, again, because of the
21 including of NEEWS in the baseline for the reliability
22 needs analysis, and, also, the plan incorporates
23 retirements in a way that obscures the multi-year -- the
24 potential for a multi-year capacity shortage.

ELECTRIC DISTRIBUTION COMPANIES' INTEGRATED RESOURCE PLAN
MARCH 26, 2009

1 So the bottom line is the NEEWS projects
2 have not been fully evaluated against alternatives and
3 have not received Siting Council approval, so they should
4 not be included in the base case.

5 The environmental benefits are uncertain,
6 because NEEWS alone will not provide access to potential
7 Canadian or other renewable resources, and, certainly, the
8 cost and availability of those resources is unknown at
9 this time.

10 The financial terms of long-term contracts
11 of local generators can be structured to allow in-state
12 generation to compete with transmission, even though the
13 costs of transmission are shared with other New England
14 states, and reliability needs and renewable standards can
15 be met by in-state generation with more certain benefits
16 to Connecticut ratepayers than interstate transmission
17 projects.

18 In conclusion, we believe the CEAB should
19 critically examine generation alternatives to transmission
20 that would provide more certain benefits to the State.
21 The systematic repowering of existing units would allow
22 Connecticut to transition to state-of-the-art generation
23 that is efficient, flexible and environmentally superior
24 at a cost that can compare favorably to transmission.

ELECTRIC DISTRIBUTION COMPANIES' INTEGRATED RESOURCE PLAN
MARCH 26, 2009

1 Further, the IRP statute gives the DPUC
2 broad discretion to develop contract terms to meet the
3 needs of the state and provide ratepayer benefits, and the
4 CEAB and the EDC should keep this flexibility in mind as
5 they evaluate generation alternatives to NEEWS.

6 Thank you for the opportunity to provide
7 comments. NRG looks forward to working with the CEAB
8 moving forward, and I'm happy to answer any questions you
9 may have.

10 CHAIRMAN CASSELLA: When you talk about
11 state-of-the-art generation, you're basically saying more
12 gas, though, right?

13 MR. GORDON: Yes. Again, as Mr. Sherman
14 pointed out, you know, given the environmental regs, that
15 is the state-of-the-art from an environmental perspective.

16 CHAIRMAN CASSELLA: Thanks.

17 MR. MENGACCI: Which, then, logically gets
18 us more dependent on natural gas?

19 MR. GORDON: Again, there are conflicting
20 policy objectives.

21 MR. MENGACCI: Yeah.

22 MR. GORDON: Certainly, that we have to
23 deal with.

24 MR. MENGACCI: The general theme of your

ELECTRIC DISTRIBUTION COMPANIES' INTEGRATED RESOURCE PLAN
MARCH 26, 2009

1 comments is that more generation is better, and I can
2 appreciate that from your perspective. But if you follow
3 that, too, its logical extension, we end up building more
4 natural gas facilities and become even more dependent on
5 natural gas, which, you know, again, I'm still not certain
6 about that one.

7 MR. GORDON: Well, again, the thrust of my
8 arguments, too, is, you know, looking at generation as an
9 alternative to transmission, and it's uncertain when we go
10 to transmission as an alternative what power resources we
11 are tapping and what consequences those may have and what
12 the cost may be, so those are the kind of alternatives
13 we're looking at comparing.

14 MS. BUCKLEY: In regards to long-term
15 contracts, I've heard them described anywhere between
16 three years being the long-term contract to 15 and 20
17 years, so I wanted to hear your view, I guess, on what you
18 would consider to be a long-term contract.

19 Also, sort of a second part to that
20 question, taking into consideration fuel volatility and
21 the price of fuel, who knows where it's going to be next
22 year, never mind 10 or 15 years, what sort of I guess risk
23 is built into a long-term contract if there were to be one
24 for 10 or 15 years? What are your opinions, and what are

ELECTRIC DISTRIBUTION COMPANIES' INTEGRATED RESOURCE PLAN
MARCH 26, 2009

1 your views on that type of thing?

2 MR. GORDON: Well, certainly, to develop a
3 new gas combined cycle unit, we are talking 15 to 20-year
4 contract as a long-term contract. You know the issue of
5 the fuel, I mean the beauty of a long-term contract is,
6 you know, it does serve as a hedge for fuel price, and I
7 think that can be an advantage.

8 MS. BUCKLEY: I guess I've heard that risk
9 is sort of built into the contract from the company's
10 perspective, because of that fact, because you don't know
11 what it's going to be, and, so, it's automatically built
12 in, so the company wouldn't lose out, and, so, I just
13 wanted to know, I guess, your take on that.

14 MR. GORDON: Well, yeah. One of the
15 advantages of having competitive solicitation and RFP for
16 a generation project is we, as the project developer, bear
17 all the risk. The shareholders do not bear the risk of
18 generation and volatility and changes in price.

19 Again, just comparing it to even this
20 transmission alternative, which would be borne by
21 ratepayers and we'd be beholden to whatever pricing we got
22 from Canada or wherever, these resources are at the end of
23 the these multiple lines.

24 The shareholder would certainly bear all of

ELECTRIC DISTRIBUTION COMPANIES' INTEGRATED RESOURCE PLAN
MARCH 26, 2009

1 that risk, whereas, for in-state generation, not only do
2 you have the economic development benefits and in-state
3 control of the resource, but you have an independent
4 generator bearing the risk.

5 CHAIRMAN CASSELLA: And given the way the
6 market is set up, wherever that power comes from, it's
7 going to be priced basically on the margin, right? I mean
8 if it's nuclear from Canada or wind from Canada, they're
9 not going to -- we're not going to get it for less money,
10 just because they like us.

11 MR. GORDON: Based on the current market
12 structure, that would be the case.

13 CHAIRMAN CASSELLA: Anything else? Thanks.

14 MR. GORDON: Thank you.

15 CHAIRMAN CASSELLA: Roger Smith?

16 A MALE VOICE: He just stepped out.

17 CHAIRMAN CASSELLA: Do we have anybody
18 else?

19 COURT REPORTER: Do you want to go off the
20 record?

21 (Off the record)

22 MR. ROGER SMITH: My apologies. Thank you,
23 and thank you for finding me. My name is Roger Smith, and
24 I'm Campaign Director for Clean Water Acts in Connecticut.

ELECTRIC DISTRIBUTION COMPANIES' INTEGRATED RESOURCE PLAN
MARCH 26, 2009

1 We're a statewide, non-profit, with 25,000 members, and
2 we worked on power plant and energy issues since 1998 here
3 in the State.

4 I want to just provide a quick summary of
5 some of my comments to the CEAB on the plan. The first
6 one is to really clearly recommend an increase in
7 efficiency spending year after year to the DPUC. We
8 really see that as the primary benefit that this plan has,
9 and we'd ask you not to leave it to the DPUC to determine
10 what those amounts have been, given all the analysis that
11 the CEAB has done in conjunction with the ECMB.

12 It seems pretty clear to us that, under all
13 these scenarios, efficiency and demand side measures are
14 really the only ones that are least cost in really all
15 scenarios, no matter what happens, so we ask you to offer
16 specific funding increases on this.

17 And at least from our perspective, this is
18 something, you know, efficiency isn't an abstract concept.

19 This is real, and I'm working with my town, the Town of
20 West Hartford. We can't do energy audits right now in our
21 buildings, because the funds are out of money.

22 We can't do more than 20,000 dollars of on
23 bill financing per meter, because CL&P runs out of money
24 for the Efficiency Fund every year. If we were in UI

ELECTRIC DISTRIBUTION COMPANIES' INTEGRATED RESOURCE PLAN
MARCH 26, 2009

1 territory, it would be 10 times that amount. That's just
2 municipalities. We're just one out of many in the State
3 of Connecticut and on the home front, as well.

4 I mean I give presentations across the
5 state about RAP(phonetic) and UI Helps and Home Energy
6 Solutions. Home Energy Solutions is only doing about
7 13,000 households a year. RAP, UI Helps, maybe another
8 11,000. We've got a lot more people out there who need
9 help than that, so I would really say that this is real,
10 and to the extent that we can really provide these
11 programs that are offering this benefit, you know, we're
12 going to get more participation, and that's going to mean
13 greater satisfaction with the programs, and it's not just
14 going to be a few businesses or others, but it's going to
15 be a broader swath of the population really benefiting
16 from it, and we really see that the CEAB could have a
17 really positive role in helping bring about this future
18 today and not waiting until the 2010 plan or some later
19 date.

20 The second comment I wanted to make is
21 about Connecticut's renewable resource potential, where
22 the executive summary states that we have very limited in-
23 state renewable resource potential, other than fuel cells.
24 I'd really ask CEAB to take a look at the March 2009

ELECTRIC DISTRIBUTION COMPANIES' INTEGRATED RESOURCE PLAN
MARCH 26, 2009

1 study that the Clean Energy Fund has been working on.

2 It's called the Sustainable Solar Strategy
3 for Connecticut, and there's been an ongoing work group
4 meeting over the last six months to really estimate what
5 is the maximum potential for solar photo-voltaics in
6 Connecticut, what sort of funding mechanisms do we need to
7 bring them to a point where they can compete on their own,
8 and just in the beginning of that report, it estimates
9 that the theoretical potential for solar in Connecticut is
10 now 42 hundred megawatts in 2008.

11 Obviously, we're not going to get anywhere
12 near there overnight, but that if we do build up the
13 industry to a point where they have economies of scale and
14 are able to drive down installation cost, that
15 combination, with dropping worldwide prices in solar,
16 means that we hit grid parity, where it's no more
17 expensive than conventional generation in seven to 10
18 years, somewhere in that range.

19 So it really asks for a 10-year plan to
20 really think about the potential of a resource like solar
21 in 10 years. The problem is, if you wake up 10 years from
22 now, when it's at grid parity and try to create this
23 industry, we're going to be way behind the curve compared
24 to our neighboring states, like Massachusetts, New York

ELECTRIC DISTRIBUTION COMPANIES' INTEGRATED RESOURCE PLAN
MARCH 26, 2009

1 and New Jersey, which have aggressive solar plans now, and
2 they're taking solar installers from Connecticut to work
3 in their states.

4 And then the final point that I really
5 wanted to hit on was about nuclear energy, and this plan
6 here listed a litany of problems with the technology. You
7 talked about a 15-year lag before a plant is built,
8 uncertain demand for the output, 15 years from now, when
9 the plant is actually up and ready to go, existing statute
10 that makes a plant illegal, the lack of any place to store
11 high-level waste for the foreseeable future.

12 We're hearing the Yucca Mountain is pretty
13 much all but dead at the Federal level right now, and
14 public opinion, safety concerns, etcetera.

15 So we ask that, given all of these issues,
16 it seems that cost is perhaps among the least of the
17 problems that nuclear power faces today, so we don't
18 understand why 513 recommends to identify a cost recovery
19 approach to really put ratepayers on the hook to bail out
20 a plant like this.

21 So we'd really ask the CEAB to, instead of
22 trying to figure out how a catch of ratepayers can pay for
23 these plants, to really assess whether or not this is the
24 least cost way to meet our energy needs. And I've

ELECTRIC DISTRIBUTION COMPANIES' INTEGRATED RESOURCE PLAN
MARCH 26, 2009

1 provided a few references in here to information sources,
2 other than the nuclear power industry, which has a sense
3 of some of the costs. So, with that, I'll end my
4 testimony.

5 CHAIRMAN CASSELLA: Thank you. Any
6 questions? Jeff?

7 MR. GAUDIOSI: Hi, Roger. You mentioned
8 the Town of West Hartford, trying to do some projects of
9 running into the 20,000-dollar per meter cap. How many
10 projects hit that cap, and did they decide to go through
11 with them anyway or table them?

12 MR. SMITH: Well, right now, we're actually
13 embarking on a comprehensive energy plan for the Town, so
14 just two weeks ago, the council passed a resolution, which
15 I'm proud to have worked on as a member of our Clean
16 Energy Task Force.

17 Really, we're starting to do audits on all
18 the buildings, enter and benchmarking data for every
19 building in West Hartford, all 31 public buildings, to
20 then assess what the best opportunities are, and then go
21 from there to identify projects.

22 We've done, you know, kind of one off
23 upgrades with lighting and other things in the past, where
24 I think, for the most part, we were able to do them, but

ELECTRIC DISTRIBUTION COMPANIES' INTEGRATED RESOURCE PLAN
MARCH 26, 2009

1 our vision is that we want to capture everything that's
2 cost-effective in the next decade.

3 We don't just want low-hanging fruit, and
4 we see that that 20,000-dollar cap is not going to be
5 sufficient if we want to install controls, upgrade
6 lighting, do HVAC. I mean there's a lot that a 50-year-
7 old building needs, and, ultimately, we've got to find a
8 way to finance this.

9 CHAIRMAN CASSELLA: You mentioned that
10 plan, which I did see on the news a couple of weeks ago.
11 Is that on your -- do you have a website, and is that on
12 the website?

13 MR. SMITH: Yeah, it's on the website for
14 the Town of West Hartford. I believe it's under Town
15 Council. I'd be happy to submit that to the CEAB. I
16 think our idea is that we want to have a comprehensive
17 approach to energy to serve as a model for other towns, so
18 we're really in the exact same situation as West Hartford,
19 if not, worse, and at least provide a conceptual
20 framework, so that it's not just there, sitting there, and
21 then some performance contractor comes and says we're
22 going to solve all your problems, or others, who are
23 peddling a particular technology, but actually really
24 trying to think about it comprehensively.

ELECTRIC DISTRIBUTION COMPANIES' INTEGRATED RESOURCE PLAN
MARCH 26, 2009

1 And the sad thing is, you know, given that
2 the CL&P territory for the Efficiency Fund is out of money
3 at this point, no one is going to help us do this, so next
4 Wednesday night, you know, we have an engineer on our
5 Clean Energy Task Force, and he's going to train me and
6 everyone else on how to do a billing energy audit, and
7 we're going to start with one of our schools in West
8 Hartford. We shouldn't have to do that, honestly.

9 MR. GAUDIOSI: If could just clarify one
10 thing, it's not technically out of money. It's holding
11 the money to make sure that we could commit it on the ECMB
12 side.

13 MR. SMITH: And to be fair, and that is in
14 part because of the Governor's budget proposal, which
15 threatens significant cuts in that budget, and what we're
16 really hoping is that with the Governor agreeing to take
17 Federal stimulus dollars and, therefore, not being able to
18 plan existing funding, that she can publicly say that
19 these funds are not on the table, so we can actually
20 proceed with these projects and deal with all the backlog
21 that's already in the system, so that's certainly our
22 hope.

23 MS. HEALEY: Thank you, Roger, for your
24 testimony. Paul Michaud told us that, in the renewable

ELECTRIC DISTRIBUTION COMPANIES' INTEGRATED RESOURCE PLAN
MARCH 26, 2009

1 fund projects, the project applicant brings about 50
2 percent to the table for help funding that, and the other
3 50 percent is the electric ratepayers.

4 In the projects your town is doing, West
5 Hartford, what kind of money is West Hartford bringing to
6 the table? Can you give us a sense of that, or is it
7 totally 100 percent funded by the funds?

8 MR. SMITH: Sure. I think, in general,
9 almost nothing is 100 percent funded by any public fund,
10 so for solar, which is what he was talking about, we have
11 proposals in now to do 400 kilowatts, so 400 100-kilowatt
12 systems on two schools and two town buildings. They're
13 sitting somewhere in the Clean Energy Funds cue at this
14 point, given that they have very limited pool of money
15 available to do these projects, so they would be cutting
16 the initial cost significantly.

17 I'm not sure exactly if it's 40 percent, 50
18 percent, something like that, and then a third party
19 entity would finance the rest, install it, own it, and we
20 would lock in a contract for the next 20 years at slightly
21 less than what we're currently paying for electricity, and
22 that's attractive for a municipality when you're trying to
23 budget year after year.

24 On the efficiency side, you know, I think

ELECTRIC DISTRIBUTION COMPANIES' INTEGRATED RESOURCE PLAN
MARCH 26, 2009

1 that we've done lighting upgrades through on-bill
2 financing, so we're paying for it ourselves over time, you
3 know, through the savings that have accrued.

4 And I think just the question is how do we
5 get from where we are today to where we need to be? How
6 do we scale this up? How do we do all the buildings? How
7 do we take this to the next level, and I just don't see
8 that happening without any sort of expanded on-bill
9 financing and expanded support at the State level, both on
10 the renewables and the efficiency side.

11 MS. BUCKLEY: I understand the Federal
12 funds that are coming to Connecticut, that there's a pot
13 of money specifically for municipalities, and I think
14 there's actually a part of that pot of money is directed
15 toward municipalities that are 35,000 people or more,
16 around that range, which certainly West Hartford would
17 fall into.

18 Have you taken the possibility of getting
19 some Federal stimulus funds into account in how to
20 possibly move forward with some of these projects, and is
21 that playing into your energy plan at all at this point?

22 MR. SMITH: That's a great question. We
23 actually just had a meeting last night, where we were
24 trying to go through funding possibilities. I think,

ELECTRIC DISTRIBUTION COMPANIES' INTEGRATED RESOURCE PLAN
MARCH 26, 2009

1 right now, it's just really unclear what's available.

2 I mean the money that we know about is the
3 money that's coming to the State, and we really hope that
4 that money is just going to flow directly in the
5 Efficiency Fund and the Clean Energy Fund, because at
6 least we know what those projects are, and tell us that
7 the money is there, and we're ready to go, and that's
8 really the idea of doing the plan, so that no matter where
9 the money is, we're able to act.

10 I think in terms of what's available for
11 municipalities, we're just really not sure what it is. I
12 mean New Britain right now is looking to do help for the
13 residents in their community, where the Town is
14 essentially facilitating that, so if the money is for that
15 purpose, that's very different than if it's dedicated for
16 our buildings.

17 So I think, at this point, we would love
18 guidance, and, honestly, as a member of the Clean Energy
19 Task Force in West Hartford, I mean we're scrambling to
20 try to get this information. There doesn't seem to be a
21 centralized clearing house to really make it easy for us
22 and tell us where to go and who is going to help us.

23 Anything we learn, we'll pass along to
24 other towns around the State, but I mean we all need help,

ELECTRIC DISTRIBUTION COMPANIES' INTEGRATED RESOURCE PLAN
MARCH 26, 2009

1 quite honestly.

2 CHAIRMAN CASSELLA: Anything else? Thank
3 you, Roger.

4 MR. SMITH: Thank you.

5 CHAIRMAN CASSELLA: Gretchen, anymore
6 speakers? If not, we'd like to thank you all for coming
7 today on behalf of the Board, and, also, to invite you to
8 get engaged in the process as we go forward for the 2010
9 plan, because I think one of the things that's going to
10 make it a strong plan is the fact that we get everybody's
11 input and opinion, and it's a plan that's representative
12 of all the parties that are involved. Thank you, again,
13 and we'll see you soon.

14 (Whereupon, the meeting adjourned at 2:20
15 p.m.)

ELECTRIC DISTRIBUTION COMPANIES' INTEGRATED RESOURCE PLAN
MARCH 26, 2009

INDEX OF SPEAKERS	PAGE
DAVID JACKSON	6
ROGER KUONTZ	9
ROBERT FROMER	12
PAUL MICHAUD	16
JEFF SCHLEGEL	27
CHRIS SHERMAN	36
JON GORDON	47
ROGER SMITH	54